







































































































































































round, so the water as it is, to ensure that it meets the kind of safety aspects of a vulnerable population has additional components in place, and there is a-- just the addition of something----

**Q** The previous page----

**A** -- so beyond going-- I think it comes to the issue you mentioned is, you know, keep looking and ensure that it remains that way. That's my reading.

**Q** I think that's probably everything, my Lord.

**THE CHAIR:** Dr Crighton, that's now the end of your evidence. Can I express my thanks for your attendance today, running over a little longer than I had indicated to you, but also for the preparation of your written statement, which is part of the evidence before the Inquiry? So, thank you for both these components of your evidence, and you're now free to go. Thank you.

**THE WITNESS:** Thank you so much, my Lord. Thank you.

**THE CHAIR:** (After a pause)  
Now, I don't understand we have any further witness today.

**MR MACKINTOSH:** Our next witness, my Lord, will be Dr Inkster on Tuesday. It's worth observing that Dr Inkster produced a rather long statement. I'm not intending to go

through it line by line, but it probably bears reading before the hearing.

**THE CHAIR:** I think we've set aside two days.

**MR MACKINTOSH:** We have set two days.

**THE CHAIR:** Yes, right. Well, can I wish everyone a good weekend, and all being well, we'll see each other again on Tuesday.

**(Session ends)**

**13:50**